



CHANUTE AFB ILLINOIS

ADMINISTRATIVE RECORD COVER SHEET

AR File Number 3342.1

File:
D.H.

BEFORE THE RESTORATION ADVISORY BOARD

IN RE THE MATTER OF:

CHANUTE AFB INSTALLATION
RESTORATION PROGRAM

BOARD MEETING

Proceedings had on June 8th, 2000, at AFBCA
Public Meeting Room, 1 Aviation Drive, Rantoul,
Champaign County, Illinois, commencing at the hour of
7:01 o'clock P.M., before the Restoration Advisory
Board, before H. Lori Bernardy, a Notary Public of
Sangamon County, acting within and for the County of
Champaign, State of Illinois.

ORIGINAL

BALDWIN REPORTING & LEGAL-VISUAL SERVICES
Serving Illinois, Indiana & Missouri
24 hrs (217)788-2835 Fax (217)788-2838
1-800-248-2835

1 PRESENT:

2 Dan Brady
3 Carl R. Sahre
4 Ron Steward
5 Scott Fowler
6 Donna Kozak
7 Robert Kravitz
8 Dan Fleming
9 Tim Mitchell
10 Richard J. Elgin
11 Jean Weber
12 Carl Weber
13 Herman Fogal
14 Earl Weichel
15 Gary Schafer
16 Mark Hutchinson
17 John Corradetti
18 Roy Murray
19 Craig Thomas
20 Ray Boudreaux
21 Charlie Rice
22 Dave Fulton
23 Tom Blair
24 Gary Enloe
 John McDonough
 Lorraine Wirges
 Virlon J. Suits
 Steven Pitts
 Sylvia Delgado
 Barb Rauch
 Tom Mason
 Gary Adams
 Jayson Ilic

P R O C E E D I N G S

MR. PITTS: Good evening. I'd like to welcome you to the June 8 Restoration Advisory Board meeting.

My name is Steve Pitts for those of you who don't know me. If we can just go around the room real quick and everybody just state your name for the court reporter. And just as a reminder, when you ask questions, if you have questions or comments, make sure that you state your name and state the question or comment clearly so that she can get it. Thank you.

MR. THOMAS: I'm Craig Thomas with the U.S. EPA.

MR. FOWLER: I'm Scott Fowler with the Illinois EPA.

MR. ENLOE: Gary Enloe with Montgomery Watson.

MR. FULTON: Dave Fulton, Montgomery Watson.

MR. ELGIN: Rick Elgin, PSI.

MS. DELGADO: Sylvia Delgado with the University of Illinois.

MS. WEBER: Jean Weber, guest.

MR. WEBER: Carl Weber, guest.

MR. HUTCHINSON: Mark Hutchinson, Air Force.

MR. BRADY: Dan Brady, Air Force Center for Environmental Excellence.

MR. MCDONOUGH: John McDonough, Montgomery

1 Watson.

2 MS. KOZAK: Donna Kozak, UNITEC.

3 MR. MASON: Tom Mason with Jacobs.

4 MR. CORRADETTI: John Corradetti with the Air
5 Force.

6 MR. MURRAY: Roy Murray with the Air Force.

7 MR. ILIC: Jason Ilic with the Air Force.

8 MR. RICE: Charlie Rice with the Air Force.

9 MR. BLAIR: Tom Blair with Montgomery Watson.

10 MR. MITCHELL: Tim Mitchell with the

11 News-Gazette.

12 MR. FOGAL: Herman Fogal. I'm a resident out
13 here.

14 MR. WEICHEL: Earl Weichel, guest.

15 MR. KRAVITZ: Rob Kravitz, Midwest Environmental
16 Consultants.

17 MR. SCHAFER: Gary Schafer, U.S. EPA.

18 MS. WIRGES: Lorraine Wirges, RAB Member.

19 MR. SUITS: Virlon Suits, Air Force Base
20 Conversion Agency.

21 MR. ADAMS: Gary Adams, the Village of Rantoul.

22 MR. FLEMING: Dan Fleming, Air Force.

23 MR. BOUDREAUX: Ray Boudreaux with the Village of
24 Rantoul.

1 MS. RAUCH: Barb Rauch. I'm a RAB Member.

2 MR. STEWARD: Ron Steward, Illinois EPA.

3 MR. PITTS: Outstanding. Thank you, very much.

4 The next item on our agenda will be old business.

5 MR. ADAMS: Yeah, I just want to make a mention:
6 Unfortunately, and I think a loss for our community,
7 Barb and Fred Rauch are leaving, moving to Indiana,
8 and very soon I understand. I guess this will be your
9 last meeting. Fred is not here tonight, but I think
10 on behalf of the townspeople here and all of the
11 people herem, all of the people of Rantoul owe you a
12 debt of gratitude for all your hard work and
13 dedication and all the meetings you've attended, and I
14 just want to say thank you very much, and good luck in
15 your new community. I know you'll be busy wherever
16 you go.

17 MR. BOUDREAUX: I want to add something to that:
18 People probably don't realize all the things that she
19 does out here, but the lady who picks up the trash on
20 Century Boulevard and around the former parade ground
21 and around down Eagle Boulevard and all around those
22 areas is Barb Rauch. She's been doing it for years.

23 MR. FLEMING: Thank you, again. Old business.
24 Are there any comments or changes from the Minutes of

1 the last meeting and, Barb, if you want a set, there's
2 another copy right there.

3 MS. RAUCH: Thank you.

4 MR. FLEMING: While we're doing that, why don't
5 we go ahead and continue looking it over and go
6 through the slide presentation, and then we'll bring
7 up the Minutes after we go through that.

8 MR. PITTS: All right, super. Okay, I want to
9 bring you up to date on our various projects we've got
10 going on. The first one is our Landfill Remedial
11 Investigation Feasibility Study. This deals with the
12 four landfills, and also deals with Heritage Lake and
13 Salt Fork Creek. And we're doing also a background
14 characterization involved with this.

15 Some of the Accomplishments that we've had
16 is we've continued our Salt Fork Creek monitoring and
17 actually done the five locations. We've completed the
18 installation of the wells, and our Round 1 groundwater
19 sampling has been completed.

20 We finally found that one elusive catfish
21 that we needed to finish our fish tissue sampling, and
22 we've also completed the background characterization
23 for the surface water, the groundwater, and the
24 sediment.

1 Some of our future work Elements is we
2 have to finalize our Interim Record of Decision with
3 the Agencies, get their concurrence, get their
4 signature. We have to complete our Comprehensive
5 Groundwater Investigation Program, and that should be
6 done somewhere in August. And then also surface water
7 and sediment characterization should also be
8 completed in August.

9 Some of our Milestones we have: We've got
10 some field work that needs to be done; again, there's
11 that August date. A Draft Remedial Investigation
12 Report should be out in October. Our Feasibility
13 Study Report should follow in November, and then our
14 Final Decision Documents and signed ROD in September
15 of 2001.

16 MR. BOUDREAUX: All the fish okay?

17 MR. PITTS: I don't know, yet. We're in the
18 process --

19 MR. BOUDREAUX: They gave their life for the
20 project.

21 MR. PITTS: Our Landfills Remedial Action, what
22 we plan on doing in the landfills area, we have our
23 Landfills Remedial Work Plan. These are the plans
24 that we've developed to get the landfills capped and

1 closed.

2 We have containment in Landfills 2 and 3
3 that we'll be doing, and future containment in
4 Landfills 1 and 4 to follow along.

5 Our approach to do this is to consolidate
6 the waste from a larger area into a smaller area, put
7 in a RCRA-equivalent cap. Along with this, there will
8 be a landfill gas venting process and also leachate
9 collection systems and drainage systems involved in
10 the construction of this.

11 Accomplishments that we've accomplished to
12 date: We've submitted our Draft Final Work Plan for
13 the Landfills 2 and 3 to the U.S. EPA and IEPA. We
14 sat down with the agencies, and we discussed some of
15 the comments and the issues that they had, and tried
16 to address those.

17 We're continuing through the permit
18 application process. There's several permits we have
19 to secure in order to start this project. We reached
20 agreement with the Village of Rantoul on the borrowed
21 soil. We'll be taking and utilizing the soil from the
22 Village for the caps and for the contouring and things
23 for various parts of the construction.

24 And we also went out and cleared and

1 grubbed. This is the process where we took down all
2 the trees and cleared the land basically so that we
3 could go in there on Landfills 2 and 3 to start our
4 process. We're all ready to start now.

5 Some of our Future Work Elements: Receive
6 the comments on the Work Plans. We have to finalize
7 the Remedial Action Work Plans and get those done. We
8 have Site Preparation at the landfills that has to be
9 done before we can actually start the capping project.

10 Borrowed Soil Project with the Village of
11 Rantoul; help them with their Drainage Pond Project,
12 and then grading, earthwork, and final cap
13 construction of Landfills 2 and 3.

14 Our Remedial Action Work Plans, we're
15 trying to get those finalized in July. We'd like to
16 start construction in July, and if we can do that,
17 then we can get our construction done by December of
18 2000 and utilize the funds properly.

19 We'll turn right around and then go into
20 Landfills 1 and 4, and we'll start working with
21 Landfills 1 and 4 in the fiscal year beginning in
22 calendar year of 2001.

23 Our OU-1 Sites: We had the Environmental
24 Company come out, and they went through all the

1 records and photographs and various things, and they
2 were looking specifically at ten sites that we had
3 assigned. And we said we want you to look at these
4 and tell us if there are any problems, concerns or
5 issues with these sites environmentally. And we also
6 asked them while they were out there to look for other
7 potential problems that we didn't know about or that
8 may come up as they were going through their record
9 search or photograph search and that type of thing.

10 Our Approach was two: One was the Source
11 Characterization, where we tried to identify all the
12 potential sources of problems, and the second phase is
13 our Remedial Investigation, where we go through and we
14 investigate all these sites, and a Feasibility Study
15 to determine what needs to be done with the sites that
16 do have problems and issues that we need to deal with.

17 Our Accomplishments to date: We've
18 completed our Draft Source Characterization Work Plan.
19 This is a plan that basically tells the agencies and
20 everybody how we're going to go about doing this.
21 We've completed our Draft Field Sampling Plan and our
22 Quality Assurance Plan. So those are the three key
23 elements that we need to get started.

24 Our Milestones right now is to get out in

1 the field in the summer of 2000, and get that field
2 sampling done; take the samples at the various sites
3 to determine what may or may not be there; get our RI
4 Report done in approximately May of 2001; the
5 Feasibility Study report in June of 2001, and the
6 Decision Documents, September of 2001.

7 And, basically, the Decision Documents is
8 what can close all of these areas, and say here's what
9 we've done, and the agencies concur that they're clean
10 and there aren't any issues.

11 Veterans Parkway, a Time Critical Removal
12 Action. As some of you know, Veterans Parkway was a
13 job where the Village of Rantoul is going to build a
14 truck route. The Village of Rantoul is going to be
15 building a road going from Century to Cook, and
16 basically, they're trying to get that truck traffic
17 away from the residential areas, and have them come
18 down through those areas. We were asked to go through
19 there and look at potential contamination out there,
20 and if there was anything that we needed to do, to do
21 that so the road could be put in.

22 There's some IDOT funds involved in that,
23 and some critical times that the Village needed to get
24 in there. We completed all the excavation that we had

1 planned. All the transportation and disposal, we've
2 taken all the former coal storage areas, contamination
3 in those areas out. We cleaned up the soil to an
4 industrial/commercial standard which is the use of
5 that area. We collected confirmation samples out in
6 the area to show that all unacceptable risks have been
7 removed, and right now, we're in the process of
8 getting all the data put together so we can put
9 together a Corrective Action Completion Report in, and
10 submit that to the agencies approximately August of
11 2000.

12 OU-2 Sites, there's 11 of those which
13 includes Fire Training Areas 1 and 2, and several of
14 the buildings in the 900 area.

15 Our Approach is a two-phase approach: One
16 is screening level site characterization, trying to
17 find out what's out there in a screening basis,
18 followed by a focused, definitive sampling for risk
19 characterization, and use that for remedial evaluation
20 purposes.

21 To date, we've completed our Draft Phase I
22 Report, and we're going to be working on submitting
23 that report, submit the Draft and Final Phase II Work
24 Report, and then also there's the Phase II Sampling

1 Analysis Plan, which is the addendum to our Base
2 Sampling and Analysis Plan. And also the last one
3 here is to perform the Phase II work.

4 Our Key Milestones Final Phase Report in
5 July of 2000. Our Draft Phase Work Plan in July of
6 2000. Our Phase II Field Work, we'll get out there
7 and start doing that in the fall. Hopefully, we'll
8 have the RI/FS Report done and completed in the winter
9 of 2000, and then all our Decision Documents done in
10 approximately January of 2001.

11 Fire Training Area 2 and Building 932:
12 Let's keep this short and simple. Building 932, we
13 initiated some soil excavation out there. We got
14 approximately a quarter of the way through it and ran
15 out of funds. We still have contamination out there,
16 and we are in the process of going through the steps
17 to secure the additional funds to clean up 932.

18 The soil removal at FTA-2 is ongoing right
19 now, and we are approximately 48 percent complete.
20 Our Underground Storage Tank Program: We have several
21 former underground tanks located throughout the base.
22 Buildings 502, 503, 747 and 937, we submitted their
23 Closure Reports to IEPA in May. We also submitted the
24 Building 747 report in May, and the 45-day Report, we

1 submitted in December; that's a portion. The 45-day
2 comes before the completion report. We're waiting for
3 IEPA for closure.

4 At this time, there are a lot of other
5 issues on the table that we feel are of a higher
6 priority and not really holding IEPA to jumping on
7 these and let's get them -- or let's get them
8 finished. We have other issues that we have
9 prioritized ahead of that. So these, again, will
10 come, but not right away.

11 Building 700, we submitted our report to
12 the IEPA in December, got comments back from them, and
13 actually got comments back -- I don't mean to say
14 that. We got comments back on time just like we were
15 told. We got them a day early on the 4th of May. We
16 responded to those comments, and IEPA came back and
17 said we still have some issues. We've sat down and
18 we've talked about some of these issues.

19 We've come to some agreements as to what we
20 need to do to close this. Building 700 is a critical
21 issue because Veterans Parkway happens to run through
22 the southern portion of the area. The agreement that
23 we've come to basically says that we acknowledge that
24 there's some groundwater issues we still have to

1 address. We haven't quite got the site done, but the
2 IEPA has agreed to allow the construction of the
3 Veterans Parkway to go through, as long as we go back
4 and finish up the groundwater study.

5 MR. BOUDREAUX: It's just the sampling that's the
6 problem?

7 MR. PITTS: Good point. Just the sampling and
8 documenting.

9 MR. FLEMING: We didn't do enough rounds of
10 groundwater sampling.

11 MR. BOUDREAUX: I was always so happy about that,
12 you know. Everybody was so thrilled about it working.

13 MR. PITTS: Building 950 UST, we submitted
14 closure reports and, again, we're just awaiting
15 closure.

16 This is our Montgomery Watson OWS, AST and
17 UST Program, and it's to obtain closure for all the
18 OWSs on the base, all the ASTs and all the UST Sites.
19 OWS is an oil/water separator. UST stands for
20 underground storage tank, and AST is aboveground
21 storage tanks. And then, the miscellaneous sites, we
22 have some sites out there that don't quite fit into
23 these categories.

24 Our Montgomery Watson has reviewed all the

1 available data to date. They're going to be going
2 back in and submitting a plan for the removal of the
3 various units. They're going to sample where they
4 need to if there's an area that they find that there's
5 some contamination or suspected contamination.
6 They'll be in there taking samples, and then they're
7 going to document, and obtain closure for these sites
8 for us.

9 Some of our Accomplishments to date is our
10 Site Reconnaissance and Data Review. They've actually
11 gone out, looked at tanks, touched tanks, and looked
12 at records. They're in the process of developing
13 Draft Work Plans, and we can submit those to the
14 Agency.

15 Future Elements: We've got the work plans
16 we have to get done, and we're hoping to have those
17 done here and completed very shortly. We're going to
18 be installing soil borings and monitoring wells to
19 obtain some additional information. We'll be removing
20 above-ground storage tanks and oil/water separators in
21 the late summer/early fall.

22 We'll submit all our documentation at the
23 end of 2000, beginning of 2001. And then, if there's
24 any remedial actions necessary - in other words, we do

1 find potential contamination out there - we'll be
2 going back in there and conducting remedial action in
3 2001.

4 The Residential Well Sampling, our data
5 packages have come in, all the information has been
6 validated, and sent back out to the residents. We
7 have one more round of groundwater sampling that we're
8 going to do, and that should be coming up here
9 shortly, probably on the 19th or so of June. And,
10 again, we're continuing to provide those residents who
11 have concerns with bottled drinking water. That
12 should be it.

13 Are there any questions on anything we've
14 gone over? Anything that's unclear you want to go
15 back through?

16 MS. WIRGES: Lorraine Wirges. On the Veterans
17 Parkway construction, then that would start after the
18 end of August? You would be able to start
19 construction after the first of September?

20 MR. PITTS: Lorraine, they've already started
21 construction over on the Cook Street side, and they're
22 all the way up to approximately the center point, and
23 we have just issued a letter to the Village allowing
24 them -- giving them permission to start the

1 construction on the other end.

2 So we've got some minor issues that we have
3 to deal with: IDOT and some other things that have to
4 be dealt with between the Village and the Air Force
5 and IDOT, but the construction should be proceeding.

6 MR. BOUDREAUX: They should be done before --

7 MR. PITTS: Yeah, their final date is October.

8 MS. WIRGES: Done before the balloons?

9 MR. BOUDREAUX: Yeah.

10 MR. FLEMING: Anyone else?

11 MR. WEICHEL: What will be the average depth of
12 your caps for the landfill?

13 MR. PITTS: Tom Blair, do you want to --

14 MR. BLAIR: Tom Blair with Montgomery Watson. The
15 caps we just worked out with the Agencies will be 4
16 feet thick.

17 MR. FLEMING: If there are no other questions,
18 for those who have had a chance to review the Minutes
19 were there any corrections or changes that need to be
20 made?

21 MR. BOUDREAUX: We need to change the spelling of
22 my name. It's spelled wrong.

23 MR. FLEMING: Which page?

24 MS. WIRGES: Well, several places. It's spelled

1 with an "X" and it should be a "U."

2 MR. BOUDREAUX: Oh, no, I have an "X."

3 MS. WIRGES: You have an "X"?

4 MR. BOUDREAUX: Yes.

5 MS. WIRGES: You mean, after all these years, I
6 can't spell your name right?

7 MR. FLEMING: Is that right?

8 MR. BOUDREAUX: It's right.

9 MS. WIRGES: I'm sorry.

10 MR. FLEMING: Is there a Motion to accept the
11 Minutes?

12 MR. BOUDREAUX: So moved.

13 MR. FLEMING: A second?

14 MS. WIRGES: I'll second it.

15 MR. FLEMING: Discussion?

16 (No audible response.)

17 MR. FLEMING: All in favor?

18 BOARD MEMBERS: Aye.

19 MR. FLEMING: All opposed?

20 (No audible response.)

21 MR. FLEMING: Passed.

22 Reuse progress. Mr. Boudreaux?

23 MR. BOUDREAUX: Thank you. The first thing, Fire
24 on the Prairie Air Festival. I'm sure you've seen a

1 lot in the papers about that. It's on our site here,
2 of course. It's no longer the National Hot Air
3 Balloon Championship, it's the Fire on the Prairie Air
4 Festival. It will last for two weekends: Friday,
5 Saturday, Sunday; Friday, Saturday, Sunday.

6 There will still be activities on the
7 grounds Monday through Thursday, between the two
8 weekends, but the air activity will happen on the
9 first weekend. There will be an air show and some
10 balloon activity. On the second weekend, it's all
11 balloon activity. Ground activities include a vast
12 array of things. We'll have some pamphlets out. The
13 next time we meet, I'll be able to bring you a
14 tri-fold, so everybody will have one.

15 But there's plenty of activities and things
16 for people to do. A carnival all week long, a circus
17 the second weekend, a car show with 300-plus cars,
18 tractors, go-cart track, static displays for the first
19 weekend, and it looks like we might be able to get a
20 Heritage flight with the A-10's along with a T28, T6,
21 P40, and possibly a P51 if there's money left in the
22 budget.

23 So, that's a pretty nice series of flights
24 if you get that many airplanes with the old and the

1 new. This, the year 2000, it's the 50th year of the
2 Korean War conflict, and the 25th year of the veterans
3 of the Vietnam War.

4 We're working on a lease for Hangar 3.
5 Everybody been worried about it. I heard Lorraine
6 when she came in, she told me to get the grass moved
7 over there, and I'll take care of that.

8 MS. WIRGES: And the leaves.

9 MR. BOUDREAUX: And the leaves picked up, and the
10 fallen branches picked up, and I'll do that. We've
11 got the right people on the job. We have a lease that
12 we're working on right now for that building as a
13 warehouse and distribution center. There will be ten
14 new jobs there and 20 part-time jobs. So, if you look
15 at FTE full-time equivalent, it's probably about 20
16 full-time employees.

17 The east and west runway project will
18 happen next -- after the balloon champion -- Fire on
19 the Prairie Air Festival, and that project includes a
20 5/8 inch overlay on the east-west runway and repair of
21 the major cracking that's happening in the transverse
22 to that runway. We'll be writing some letters to you,
23 Mr. Fleming, and to Virlon, to get approval to do that
24 digging. That digging is going to be probably fairly

1 substantial because there's something causing the
2 subsidence underneath that runway in the three areas,
3 and we'll have to go ahead and do that.

4 They're planning on digging fairly deep to
5 find out what it is and get it out of there, put in a
6 new subbase and complete new structure before the
7 overlay, then a full overlay of the east-west runway.
8 The T-hangar construction project is underway.
9 They've done their soil samples, the building has been
10 built, and it's sitting in Harvard, Illinois, waiting
11 to be delivered.

12 Unless there are questions, that's all I
13 have.

14 MR. FLEMING: The next agenda item is Community
15 Involvement. What I would like now since for Barb and
16 Fred Rauch this is to be their last meeting, I would
17 put a request in for any additional volunteers of
18 people from the community who would like to be members
19 of the RAB, and you can either leave your name with
20 Virlon, myself, or Gary, and we can get you worked in
21 as a voting member on the RAB.

22 Does anybody have any items or issues that
23 they would like to bring up?

24 MR. STEWARD: I'll bring up one. I'm Ron Steward

1 with the Illinois EPA, and I think all the RAB Members
2 got a copy of the latest newsletter from the Air
3 Force, and I just wanted to emphasize that that is the
4 Air Force's point of view. I'd ask to be able to
5 review those. Is this the latest one?

6 MR. KRAVITZ: Yes. The article you're concerned
7 about is on the inside page.

8 MR. STEWARD: Yeah. I'd ask to be able to review
9 a draft of the newsletter before they went out, and
10 make a comment on it, and I strongly disagreed with
11 How Clean Is Clean discussion.

12 And I had requested that you include the
13 specific regulations on how you go through
14 establishing the cleanup objectives. I don't think
15 that was clear there. It acted like you had more
16 latitude than there really is, and that these are
17 really negotiated. And I think the regulations lay
18 out a specific procedure, and as part of that, your
19 point of departure for preliminary remediation goal is
20 ten to the minus six, which is the safest, or lowest
21 end of that range that's discussed.

22 So I just wanted to clarify that that's the
23 Air Force's point of view, and even though my name's
24 on the back, that's not my point of view.

1 MR. FLEMING: And that is correct, and we agree
2 with what you're saying, and that is what we normally
3 follow.

4 Anybody else?

5 MR. BOUDREAUX: Has a procedure been set up to
6 make sure these guys get to comment before we publish
7 that?

8 MR. FLEMING: Oh, yes. It was sent to them and
9 we did receive input into it, and it was taken into
10 consideration.

11 MR. BOUDREAUX: Since these are the guys we all
12 march to, they're the ones that regulate, we kind of
13 have to sort it through them.

14 MR. FLEMING: Anybody else have anything?

15 (No audible response.)

16 MR. FLEMING: Okay. Our next scheduled meeting
17 is proposed for August 10 at 7:00. That is a
18 Wednesday, I believe -- no, it's a Thursday.

19 MR. BOUDREAUX: I hope it's Thursday.

20 MR. FLEMING: Thursday, I'm sorry. Thursday.
21 And if that's good with everybody --

22 MR. BOUDREAUX: Unfortunately - since I have all
23 your addresses, I'll send you one - the tri-fold will
24 be too late.

1 MR. FLEMING: Appreciate it. Thank you all for
2 coming.

3 HEARD AND TAKEN
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

C E R T I F I C A T E

I, H. Lori Bernardy, a Notary Public,
Certified Shorthand Reporter, do hereby certify that
on the said date, June 8th, 2000, the foregoing public
meeting was taken down in shorthand by me and
afterwards reduced to typewritten form, and that the
foregoing transcript contains a true and accurate
transcription of all such shorthand notes.

I further certify that I am a disinterested
party to the proceedings herein, and that I am not a
relative of any of the parties hereto, or their
attorneys, that I am not in the employ of any of the
attorneys for the parties hereto, and am not otherwise
interested in the outcome of this cause of action.

In witness whereof, I have hereunto set my
hand affixed my seal this 8th of June A.D., 2000.

H. Lori Bernardy
Notary Public and
Certified Shorthand Reporter

License No. 084-004126



FINAL PAGE

ADMINISTRATIVE RECORD

FINAL PAGE